
U.S. ARMY CORPS OF ENGINEERS, NEW YORK DISTRICT
PROPOSED PLAN FOR THE COLONIE FUSRAP SITE
VICINITY PROPERTIES OPERABLE UNIT IN
COLONIE, NEW YORK

THE STENOGRAPHIC MINUTES of the above entitled matter
by NANCY L. STRANG, a Shorthand Reporter, on February 1,
2017 at 7:07 p.m. at the West Albany Fire Company No. 2,
36 Osborne Road, Colonie, New York.

PRESENT:

- James Moore, Project Manager, ACOE
- David Watters, Project Physicist, ACOE
- Cliff Opdyke, Project Risk Assessor, ACOE
- Maureen Schuck, NYS Department of Health

Redacted - Privacy Act
Redacted - Privacy Act
Redacted - Privacy Act

- Anne Rabe
- Darina Castillo
- Redacted - Privacy Act
- John Abunaw

1 MR. MOORE: I think we can start. If anyone else
2 comes, we can just fill them in as things go.

3 Good evening. My name is Jim Moore. I am with the US
4 Army Corps of Engineers, New York. I am the Project
5 Manager for the Colonie FUSRAP site. We are here tonight
6 for the vicinity property operable unit proposed plan.

7 The proposed plan document was issued to the public
8 and mailed to many people in the community. There is
9 also a copy that is in the library.

10 What we would like to do is have the public meeting
11 in the middle have comments. That way, we have an
12 opportunity to review the technical information that we
13 want to share independent of the report and give you an
14 opportunity to both comment here and also in writing.

15 With that, what I would like to is the presentation
16 if you don't mind and not take any questions and then at
17 the end of the presentation we can take questions and
18 our Stenographer here, Nancy, will be documenting
19 anything that you have to say as a matter of the public
20 record.

21 With that, I would ask you to just turn your cell
22 phones on mutes.

23 If you have any other comments -- if you want me to
24 stop anytime to go to the bathroom, we'll stop and wait
25 until you come back and go on from there.

1 Here's tonight's agenda. We are going to talk briefly³
2 about the FUSRAP program and that's Formally Utilized
3 Sites Remedial Action Program. We'll talk a little bit
4 about the Colonie site origin and use. We will also go
5 over a little bit of the site history and talk about the
6 vicinity property soil actions that were done not only
7 by the Department of Energy, but by the Corps of
8 Engineers. We will also talk about the vicinity property
9 dust investigations that were performed by the Corps of
10 Engineers in conjunction with the Department of Health
11 and the Department of Environmental Conservation.

12 We will also talk about the risk assessments that
13 were performed and conclusions and recommendations.
14 After that, you will have an opportunity to provide
15 public comments. Please remember, this is your meeting
16 so this is your opportunity to comment.

17 I also want to introduce you to just a few members of
18 the core team that are here to support me. Over here we
19 have Bill Kollar. He is our community relations support
20 person. We have Dave Watters. He is our health
21 physicist for the project. And Dr. Opdike is our risk
22 assessor for the project. All of these members of the
23 team were intricately involved and work together on the
24 proposed plan including all the documents that we will
25 be discussing tonight.

1 What is FUSRAP? FUSRAP is the Formally Utilized
2 Sites Remedial Action Program. This program was set up
3 by Congress to address sites that handled or managed
4 depleted uranium or radioactive material related to
5 development of the atomic bomb.

6 It is important to note that Colonie is not a true
7 FUSRAP site. Colonie is what we call a congressional
8 add. So, what happened back in 1984 was Senator D'Amato,
9 wrote into appropriation language that the government
10 shall, through the FUSRAP program, perform remediation
11 of this site. That is how it came to the Department of
12 Energy.

13 The Corps of Engineers took over the FUSRAP program
14 in 1997. Here is the Colonie site (indicating). This is
15 Central Avenue (Indicating). These are the main
16 thoroughfares. Most of the site is in the Town of
17 Colonie with a small portion of it being in Albany.

18 We are going to talk a little bit about the operable
19 units for the site. There are three operable units for
20 Colonie. The short answer is because the lawyers told me
21 I had to do it this way. It is a way to separate things
22 out to prioritize sites. We have our main site and
23 groundwater operable unit. So, that is a separate unit.
24 Currently we have a remedy in place, which is natural
25 attenuation. We will talk a little bit about that later.

1 That information is also in your packets.

2 We also have the Main Site Soils Record of Decision.
3 That was signed in 2015. All that did was document all
4 the work that was performed in 2001 and 2008 and
5 document that all the work was done in compliance with
6 that document.

7 Lastly, the purpose of our discussions tonight is the
8 Vicinity Properties Operable Unit. When this site came
9 over and DOE in the variety of investigations determined
10 that there were 56 properties that have been impacted by
11 FUSRAP contamination. The Department of Energy, as part
12 of their work cleaned up 53 of those sites. Three of
13 those sites, the Corps of Engineers addressed. That,
14 again, is the subject of our discussions tonight.

15 Here's what the site looked like during remediation
16 (Indicating). When we started the remediation, we
17 started from this side of the site and went this way
18 (Indicating). So, this is probably about vintage 2006.
19 This green area means that was the part of the site that
20 was remediated and that goes in place with vegetation
21 cover. We were currently digging over in this area and
22 this was our concrete line pad that we used to stage
23 soil and then ship the material out by rail. This is a
24 map of the vicinity properties.

25 I apologize for it being so small, but it is and a lot

1 of the documents are available for public comment.

2 Anything that is in blue indicate something that was
3 done by the Department of Energy or the Corps of
4 Engineers.

5 Let's talk a little bit about the history of the
6 site.

7 Back in 1923 the site started out as a wood
8 fabrication facility but was later converted into a
9 smelter for railroad parts. They used to make a product
10 called babbit metal which was important for railroad
11 components.

12 Later in 1937, NL purchased the property and
13 continued smelting operations, mainly lead and metals.
14 It is important to note that as part of their smelting
15 operation and disposal practices from the 30s well
16 through the 60s and 70s they never took any material
17 off-site. Any material that they didn't use and wanted
18 to get rid of, they would just throw in these man-made
19 landfills on the site and fill in any space.

20 From 1958 to 1984 NL Industries started working with
21 uranium and thorium under a Department of Atomic Energy
22 license. Primarily what they did was they took depleted
23 uranium and they fabricated it to make armor piercing
24 shells for tanks which was really important for the army
25 at the time because this basically balanced out the

1 numerical superiority between Russian tanks having five ⁷
2 tanks for every tank that the Americans had and with
3 the armor piercing shells. It was very important at the
4 time.

5 From 1960 to 1972 NL handled small amounts of
6 enriched uranium for experimental reactors.

7 Most importantly, in 1984 the New York State Department
8 of Environmental Conservation decided that they had
9 enough of the environmental issues on the site and
10 closed it. That's when Senator D'Amato wrote into
11 appropriation language and put Colonie into the FUSRAP
12 program.

13 From 1984 to 1997 the Department of Energy was
14 working on the site.

15 In 1997 there was the transfer of the FUSRAP program
16 to the Corps of Engineers for execution.

17 FROM THE FLOOR: Excuse me, what does FUSRAP stand
18 for?

19 MR. MOORE: Formerly Used Sites Remedial Action
20 Program. Unfortunately, you missed part of the earlier
21 presentation. Colonie is not a true FUSRAP site
22 because they didn't handle material related to the
23 development of the atomic bomb, but they were handed
24 into the program because they had radioactive material
25 there.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

So, this is summary of the DOE actions they took at the Colonie site. This gives you a site history. The DOE went and did a variety of investigations of vicinity properties. They do aerial flyovers based on the properties that might be impacted. They will do field scans and surveys. From those field scans and surveys they determined that there were 56 sites that were identified as eligible. They'll do things like - I'm going to take off six inches of topsoil on your front lawn or a part of your roof - anything that was impacted. They would take care of or remove and the material was disposed of at an approved disposal facility.

They also did removal of the Main Site buildings and decontamination of the materials that staged it all the way up until 1997.

When the Corps got involved in 1997 we took control of the site. We went back and looked at the documents from the perspective of CERCLA and this is the law that guides how we do all of our work.

We revisited the plan that DOE had and decided to amend it. That plan was purely for a removal action of all the contaminated material and disposal of the material at an approved disposal facility.

There was also a cap placed over the entire facility

1 and in 2001 was when we started excavation and removal
2 actions at the site. Now from a vicinity property
3 perspective, around 2007 to 2008 we finished work on the
4 Main Site and then we started addressing the three VPs
5 which is the Town of Colonie property and the CSX
6 property, which is the railroad on the other side of the
7 Colonie site.

8 We also did some investigations and studies at the
9 NIMO substation. We determined through our
10 investigations and our studies that it didn't have need
11 to have any remediation done. The site was in
12 compliance.

13 From 2010 to 2012 we then went back and looked at
14 all the historical documents and all the work that the
15 Department of Energy had done to make sure that the work
16 that they had done was in compliance. In doing so and
17 evaluating all of those 53 sites, we had to go back and
18 look at two sites; one at 1118 Central Avenue which used
19 to be Appletini's and I forgot what it is now. It
20 changes all the time. That one - we did some
21 investigations and studies, but we also did some work on
22 50 Yardboro.

23 What I can tell you is that we had to do a removal
24 action at 50 Yardboro - some removal of soil. But based
25 on our investigations we didn't have to do anything at

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1118 Central Avenue. We've gone through and we've done the soil removal actions between the Corps of Engineers and the Department of Energy and determined that all of VPs, vicinity properties, are completed. All contaminated material have been shipped off-site. All unacceptable risk related soil contamination had been addressed. This is good. We're in 2010 and we think we are just about done and thinking that we might even transfer it back to the Department of Energy.

Late in 2009 a gentleman by the name of Redacted - Privacy Act collected some dust samples at four properties. Based on those results, the CCNL presented them to the Corps of Engineers and they said there is still potential problems and we want this investigated. So, as a result of that, we had to go out and figure out how to do something that we had never done before in the Corps of Engineers which is investigate dust contamination. So, getting that copy of the independent academic study, we went in and evaluated dust at the four locations and wanted to verify what the results were. Then, we looked at the locations that were sampled. Basically, they were looking at inaccessible areas or locations that people don't normally live in; basements, attics, garages and those types of things. Dust samples were not collected in living area spaces such as living rooms, kitchens and

1 bedrooms. The results did indicate that there was
2 depleted uranium in their material. So, we went out and
3 performed and developed a site inspection plan and
4 coordination with the Department of Environmental
5 Conservation and the Department of Health.

6 We verified the results of the study that was
7 collected by Redacted - Privacy Act and used EPA methods for sampling
8 of lead that is very comparable to sampling for uranium
9 and then use that as a basis to develop a risk based
10 dose level from a SI perspective.

11 When you collect the samples, you have to know what
12 you're going to measure against and agreed to that early
13 on. Otherwise, you're just collecting data and there's
14 not much to do with it.

15 Again, we coordinated all these activities with both
16 the Department of Health and the Department of
17 Environmental Conservation. So, this is what our site
18 inspection levels -- that we came up with it was agreed
19 with the New York Department of Health. We have the most
20 restrictive levels of six in the living areas and 138 in
21 non-living areas. These were our target quotients. These
22 were our cancer risk numbers and this is how they based
23 the dose.

24 If you have any specific questions related to those
25 areas, you can ask those later.

1 These are our results of our site inspection and
2 verification of the four locations. For privacy
3 purposes, we are only listing them as residences one
4 through four. Samples were collected in attics, garages,
5 feelings and basements.

6 The first location pretty much came back fine, but
7 the other three indicated that there was material
8 detected and as a result of this, we decided that we had
9 to do a more intensive investigation of the work at the
10 site.

11 MS. RABE: These are the houses that were done in
12 2011?

13 MR. MOORE: Yes, correct. Again, we concluded
14 that more detailed study needed to be done and an RI
15 was warranted. Limited sampling and high use areas and
16 properties closest to the source were appropriate. So,
17 we had to look at samples and results of where we are
18 collecting the results. Are we collecting them in a
19 place like a garage where you don't live in, or are we
20 collecting them in a workspace or a living space like a
21 kitchen or bedroom? So, we wanted to go back and look
22 at those, but we also wanted to look at the differences
23 between commercial properties and residential
24 properties.

25 Our primary focus was looking at residential

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

properties. We collected samples following EPA protocols for lead. That is the scope that we did. We did residences. We sampled living spaces, kitchens, bedrooms and non-living spaces such as attics and crawl spaces for individual properties. We did commercial properties - high use areas such as office areas, retail space but not bathrooms and work areas, but also limited use spaces where they would store equipment or supplies just to get an overall picture about - was there differences between the two? We also analyzed samples for uranium and compared it against our conservative risk dose-based action levels. In addition to that, we also went out and collected a background sample outside of the area to see if there was depleted uranium within the vicinity that was unrelated to NL operations. So, that led us to the basis of how does dust get distributed in the community? We worked with the Department of Health to get a conceptual model of understanding of what is going on. This is really important because this guided the way that we did our study.

First of all, we had a specific source. We knew that the source happened from 1958 to 1984. That's when they first started handling this material and that's when they stopped. What they would do when they fabricated these depleted uranium shells is they would get chips of

1 the material left over and they would put these chips in¹⁴
2 what they call chip burner. The chip burner would
3 incinerate the material and blow it out of the stack and
4 the wind would carry it down and it would drop down from
5 the site and the surrounding communities.

6 The initial deposition of dust was caused by NL stack
7 emissions following predominant wind directions. We know
8 what predominant wind directions are so we can figure
9 out where it was.

10 We also used - and this is really important - the
11 initial soil contamination from the stacks created
12 locations where if we know that we found it on someone's
13 grass or lawn in the past, it is likely that we are
14 going to find it there, too. So, these were all means by
15 which we used to guide our investigation to determine an
16 answer the public's question which was: Is there any
17 risk related to this dust material?

18 Airborne uranium entered structures and it depended
19 upon how it was communicated. So, if it got in a
20 residential structure, it would be in the eaves. If it
21 was a commercial structure, it was settled on beams.
22 This is just dust that we are viewing. So, we used all
23 these factors to figure out how we were going to best
24 study and answer questions.

25 Furthermore, there is a lot of human activity that

1 would take place. People always vacuum the house. I
2 vacuum my house at least once a week in the living
3 spaces. That's what I do. I don't know what other people
4 do, but I use that in my own personal life as a guide.
5 So, if you are in a living space, we have to assume that
6 your vacuuming once, twice, three or four times a month.
7 Are you vacuuming and high use areas and living areas?
8 How often do you vacuum your attic? How often do you
9 vacuum your garage? I added once a year to that. So,
10 these are all different factors that we used to try to
11 understand where we would find dust and how we would be
12 able to analyze and look at that data. We selected
13 properties for sampling. We used a random grid approach
14 and we broke everything down in concentric circles away
15 from the site. They were three groups that were
16 established.

17 Potential contamination was assumed be proportional
18 to soil contamination levels which we have a lot of data
19 on. That helped us a lot. Then, we collected 13
20 representative properties that were sampled; eight
21 residential, three commercial and one mixed-use and one
22 background sample to answer our question. This will
23 give you a flavor for how we collected the sampling
24 data.

25 It is a vacuum and it collects the information in this

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

bag. It is then put in a container and shipped off to a lab for analysis. It has a certain amount of suction on it and a certain amount of PSI. We would vacuum for a certain amount of time. This all follows EPA protocols.

So, here were the results of our action level which we set in our site investigation. Seventy percent of the residential properties had material found in them. All of the samples from the commercial properties were less than our action levels. The results were transmitted to the land owners in August 2016.

I want to take a moment to just explain one thing to the public. We collected the samples in 2014. When we got the results back, we coordinated that information. Our risk assessor went ahead and compared his risk assessments on what was going on for that property and we all sat down and said okay, we have an idea of what's going on. We had to finish our report before we were willing to release the results because frankly if we didn't have an answer to a person's question who we had access to. We wanted to make sure we had that answer when we gave them the results. We actually explained that in the letter that we sent to everybody.

Also, anybody who allowed us access to their property for sampling purposes, got a copy of this report. Everybody knows it's going on. So, there was a delay and

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I acknowledge that delay between when the samples were collected and limited results are reported. It was important for many reasons - for both privacy reasons non-technical reasons because this is a new area of study.

We're almost done. Can you just wait? Thank you, Tom. I appreciate it.

Here were the RI results. Here is our background location. Anything that is in purple indicates that it is above our screening level. So, limited use areas - you will see some of these spots where we have samples not collected. What that means is we were able to collect the sample in the limited use area like a basement or attic. When we went back and asked to go into the living space, we were not given access. So, we don't have that information.

As you can see, in some cases we found nothing. In some cases, we found stuff. The commercial properties were pretty good.

So, based on that information, we did a human health risk assessment, for both carcinogenic and non-carcinogenic risks. We looked at all the vicinity properties and every property had its own risk assessment. Due to the high number of elevated exceedences, all VPs were reviewed and we have receptors

1 for both child, adult workers. All the risks for cancer
 2 and noncancer numbers were within the acceptable range
 3 of CERCLA. In addition to that, because of the limited
 4 use areas - garages, basements and detached structures -
 5 we also did an adult garage user because we, as a team,
 6 were asking questions like how much time do you spend in
 7 your garage? All right, do I live in my garage? No, I
 8 don't spend 24 hours a day in my garage. Okay, but how
 9 much is a reasonable amount of time that we spend in
 10 that garage? Those were part of the very difficult
 11 technical discussions that we had as both a team and
 12 with the Department of Health.

13 We stepped through this with the Department of Health
 14 each step of the way. We didn't have an agreement on
 15 everything or they might have a strong opinion on
 16 something and we wanted to know that so in the end we
 17 could all stand behind the data that was collected.

18 Just as a matter of record, there is a complete copy
 19 of the risk assessment available in the remedial
 20 investigation report that is available at the library
 21 and I do have a copy here.

22 So, the results of the study indicated that yes, we
 23 found trace levels of depleted uranium. The facility had
 24 been closed to uranium from 1958 through 1984. We found
 25 it in some of the soil and we remediated that soil and

1 we did find it in some of the inaccessible areas.

2 Property specific risk assessments all indicated that
3 they were no risk to the public related to this
4 material.

5 I am just about done.

6 In our discussions of our proposed plan we talk about
7 our soil actions - the work that was done both by the
8 Department of Energy and the Corps of Engineers. We also
9 worked with the New York State DEC and improved the
10 cleanup on all the vicinity properties and we worked
11 with the Department of Health to conduct studies and
12 investigations to answer the public's question.

13 The remedy for what we are saying right now is we are
14 recommending as part of the proposed plan - and everyone
15 will have an opportunity to comment - is no further
16 action.

17 This is where the document is available. It is at the
18 Sanford Library and we have copies of it here. We also
19 have copies of the presentation.

20 With that, my presentation is done. I look forward
21 to your comments. From a public comment perspective,
22 the document was issued and the public comment period
23 ends in a little under two weeks. This is an opportunity
24 for the public to ask any questions.

25 Anne, I will be right there with you.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Also, to get any comments that you might have to make that part of the permanent administrative record.

Thank you for your patience. Anne?

MS. RABE: Thanks. My name is Anne Rabe. I am a member of Community Concerned about NL Industries. It used to be called Citizens Concerned about NL Industries. It has been in existence since 1982, monitoring the site and advocating for a full clean-up and health studies.

First, I want to thank the Army Corps for doing the remediation which they were not required to do but they did it and for looking at 50 Yardboro and 1118 Central Avenue where the owners had refused in the past to have testing done. They went back and did that on Yardboro. That's great. Also, for doing the dust sampling.

The history on the dust sampling is that British scientists came here and started the site and one of the things they did is they looked out a quarter-mile radius at the deposition of the toxic emissions that came out of the stacks. Many times that incinerator did not have filters. So, in a quarter-mile radius only 53 properties were cleaned out that were found to be above the cleanup standard of 35 millicuries per gram. The history of the clean-up standard, as it relates to dust clean-up, is not being done in this proposal which we strongly

1 oppose. That 35 millicuries per gram was done with the
2 Department of Environmental Conservation, the Department
3 of Health, and the Attorney General's Office working
4 with the Department of Energy. They basically took the
5 169 millicuries per gram standard that was established
6 back in the 1980s by three state agencies; the Attorney
7 General and the Department of Health and the Department
8 of Environmental Conservation working with the
9 Department of Energy. It is important because it set a
10 precedent that this site has always followed where there
11 are safer state standards and it has always followed the
12 standards. So, they established 35. What they did is
13 they divided by five the State Department of Labor
14 Standard because it was the only standard they had at
15 the time. It was 169 millicuries per gram for exposure
16 of workers to contaminated soil. They divided that by
17 five because people were exposed 24/7 as opposed to
18 workers who were exposed eight hours a day. They came
19 up with 35. That was the standard used for soil cleanup
20 that the Army Corps eventually took over. It was not
21 based on complicated risk assessments and best guess
22 estimates. It was based on the Department of Labor
23 standard and also taking into account that people wanted
24 it to be as low as reasonably achievable. Also the
25 background level in that area for depleted uranium in

1 soil - we wanted as low as possible. So, our group and
2 many other environmental groups and local politicians
3 pushed for a very low protective cleanup standard for
4 the soil.

5 Fast-forward a couple years ago when these British
6 scientists came to Albany and they studied a number of
7 things including the dust -- we went with them to these
8 homes where we deliberately looked at areas where people
9 had not cleaned. We wanted to look at those areas to see
10 if when they go in to get their Christmas ornaments once
11 a year in the attic - are they being exposed to depleted
12 uranium in the dust? That was our concern. Are there
13 pathways of exposure that still exist that could harm
14 people, especially kids, that are still in these homes
15 that were cleaned up? The scientists found it. Yes, that
16 was the case. They were in the attics and garages and it
17 was quite obvious because you could see this thick black
18 dust.

19 So, we then went to the Department of Health and DEC
20 and asked them to have the Army Corps come back to town
21 and investigate the dust. We specifically asked the
22 agencies and the Army Corps to let us know if they were
23 not going to use the 35 millicuries per gram as a
24 cleanup level. It is dust versus a different medium of
25 soil. We thought well, they're going to use it for soil

1 because it kind of makes sense. It was already
2 established at the site and is based on state policies
3 which I will get to a just a second.

4 So, we didn't hear anything. We were told the last
5 two years at another Army Corps meeting that you guys
6 were having difficulty getting homeowners to agree to
7 have their dust sampled. So, Tom and I and Tony from
8 Yardboro Avenue put out a leaflet to everyone in the
9 area on Yardboro and Central Avenue and encouraged them
10 to open up their homes to have the them sampled. Why?
11 Because we wanted people to have safe attics and
12 basements. We wanted to have them tested and provide
13 peace of mind to people and if they were contaminated
14 above 35 millicuries per gram, we wanted to have them
15 cleaned up. After we did that, we didn't hear anything.
16 We provided the information along with the homeowners
17 that were interested and we never heard anything.

18 Last summer, apparently, when you guys had your draft
19 investigation report when the DEC and DOH were looking
20 at it, none of us heard anything. We didn't hear
21 anything about the dust sample results. We didn't hear
22 anything about any public input on what the clean-up
23 level should be - nada, nothing.

24 Now, here we are tonight and you're telling us that
25 there are 17 properties that you tested for dust and six

1 of them are above the clean-up standard that has been
2 used at this site for over 25 years, 35 millicuries per
3 gram.

4 I want to step aside and talk about our state policy
5 because what you did - the Army Corps, DEC and DOH much
6 to their discredit and disservice went along with an EPA
7 policy, which is in violation with our New York State
8 policy. Our New York State policy which is enshrined in
9 statute passed in 2003 for cleaning up contaminated
10 sites is one in 1 million cancer risk. State Superfund
11 Brownfield clean-up program law - one in 1 million
12 cancer risk. We spent seven years fighting for that law
13 - one in 1 million cancer risk because that is
14 protective - the most protective we can be in terms of
15 cancer risk assessment. That means one person is
16 estimated to get cancer out of 1 million people at the
17 levels you leave behind at a site.

18 What you guys did is you largely used EPA's range of
19 one in 1 million to one in 10,000. It looks like you
20 largely used one in 10,000 which means more people will
21 get cancer at the levels of dust you are leaving in
22 people's attics and basements - more people get cancer.
23 You did it without any public input. You are basically
24 in violation of New York State's policy on Superfund and
25 Brownfield as well as other environmental hazards that

1 go with one in 1 million cancer risk.

2 We have measured the Department of Health on other
3 cleanup standards like the respiratory commission
4 standard which is one in 500 cancer risk in a suit that
5 re-educated them about New York State's policy and how
6 it is enshrined in statute -- they totally backed off
7 and said they would go with one in 1 million cancer
8 risk. That is the Director for the Center of
9 Environmental Health Bureau last summer. If we had known
10 that your agency was talking with the State Department
11 of Health people and DEC people and cutting a deal to
12 basically walk away from contaminated dust at six
13 properties, we would have done something about it. We
14 trusted that the agencies would involve the public
15 because we asked you to do this, specifically to find
16 out if they were areas that needed to be cleaned up.

17 So, what you have done now is whitewashed it with
18 your risk assessment saying that basically six of these
19 properties where you have as high as 630 millicuries per
20 gram in someone's residential area - whether it's a
21 garage or attic, I can't tell because the numbers --
22 it's more of a summary and not a detailed test result
23 chart. We specifically are strongly opposed to the
24 public participation and lack thereof in the slow
25 process.

1 Second, to using federal guidelines which are not
2 protective. One in 10 million is not a protective risk
3 guideline and in violation of our state policy which is
4 one in 1 million for any contaminated site in New York
5 State.

6 We specifically asked that you come back to remediate
7 the dust in the six properties out of the 17 that you
8 tested. The main problem with the dust is that it can
9 be inhaled very easily and it can lodge in your lungs
10 and it can be an on-going radioactive hotspot in your
11 lungs. That is the main concern. That is why we fought,
12 but the Department of Health -- they finally agreed to
13 ask the Army Corps to come back and test for dust. The
14 inhalation is a main pathway of exposure.

15 So, what we are doing today is basically having our
16 federal and state agencies say that they don't care if
17 the families at six properties have their kids who are
18 20 times more sensitive to toxic chemicals breathe in
19 contaminated with depleted uranium dust that could lodge
20 in their lungs and give them a radioactive hotspot for
21 the rest of their life. That is the bottom line. That is
22 what we are really seeing in these charts. That is the
23 bottom line. I think that the Department of Health and
24 DEC - just like in Hoosick Falls, north of here where
25 they didn't tell the people for over a year that they

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

were drinking contaminated water - they have done the same thing here by going along with EPA guidance from one in 10,000 cancer risk which is in violation of our New York State policy.

So, we would like to have the detailed sample results of all 17 properties and we would like to have the Army Corps step back, acknowledge the historical precedent of the site which has always been to follow state policy wherever it is safer and to redo their assessments based on one in 1 million cancer risk and cleanup six of the 17 properties based on the 35 millicuries per gram.

MR. MOORE: Good job. Let me see if I can try to address some of your concerns. I am probably going to ask Cliff to weigh in on some of the specifics. Let's deal with this in chunks. We have been working together for years.

The difference is we are doing a clean-up on a federal property where we own the land - the government. We can do things to address her concerns. Our one part of the problem - and that is the simple part -- but when we are dealing with private properties that we don't own and are doing testing on, we want to make sure that we had everything right before we released anything to the public because you recognize that as soon as this information gets out, it has an impact upon everybody in

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

the community; your property values, your lifestyles and
yes, we want to be protective of kids.

As far as the issue of public comment - we follow
very specific rules. The rules are that we are supposed
to interface and to show this information to the public
at the proposed plan phase of our work.

We have put the documents in the library and I have
to go back and ask Bill -- I thought we sent a note to
people that the RI was in the library, if I remember
correctly -- we did that.

MR. KOLLAR: We sent the proposed plan to the
mailing list and in the proposed plan it has a section
on the availability of the RI in the library.

MR. MOORE: I thought that we had sent a letter
out saying that the RI was out; I was wrong. As part
of our processes this is when we solicit public
comment.

I can tell you that in my experience working with
both John and Maureen that we work very closely on all
these issues; sampling protocols, locations, privacy
issues, many of these things such as screening levels --
for things that there are no levels established. That is
the thing you have to understand. That is what took us
so long. We are doing things that they don't do. We're
doing things when there are not processes in place. We

1 had to use EPA's protocols because we wanted to work
2 with something that was established because to try to
3 create something that would have created and made this
4 process even longer.

5 MS. RABE: There are plenty of state Superfund
6 sites where they have done lead sampling. You could
7 have used those protocols as well. You should've let
8 the community groups know they were sitting down with
9 the Department of Energy and not using the 35
10 millicuries per gram site standard.

11 MR. MOORE: You're correct. We never went around
12 and told you, Anne, or you, Tom, or you, Mike that we
13 were using this protocol.

14 MS. RABE: We asked specifically, actually, three
15 times when we first asked the Department of Health - we
16 put the request in and we met with the Department of
17 Health we asked Jude and a number of people - because
18 we knew it was a different media -- please let us know
19 if you are not going to use the site-specific 35
20 millicuries per gram and we never heard a word.

21 MR. MOORE: I cannot comment to your conversations
22 with another entity. I can only comment about your
23 conversations with me.

24 Maureen, would you like to address that? If not, I
25 understand. Otherwise, I will continue on and ask Cliff

1 to talk a little bit about the risk assessment and how
2 risk assessments were developed and what numbers would
3 be used so that the public will have a better idea about
4 how they were achieved.

5 MR. OPDYKE: Good evening, everybody. My name is
6 Cliff Opdyke and I work for the Baltimore District Army
7 Corps.

8 I know there was a lot to what was said and so I'll
9 just take a shot at trying to explain sort of the basics
10 of risk assessment and how we go about doing what we do
11 and what risk assessment is used for. Risk assessment,
12 for us, is a methodology by which we can use to inform
13 us whether or not we need to take action or not.

14 MS. RABE: It's a best guess estimate, based on
15 what you know today by the toxicology of depleted
16 uranium, which there is not a lot because it was not a
17 lot of studies done -- in terms of foundation for the
18 risk assessment for these people who may not know -

19 MR. OPDYKE: I would say it uses what we know or
20 can assume about exposures. It is what we know
21 currently in the scientific literature, as you said -
22 what toxicology is. Those two things are married up
23 into what is called a risk characterization. That is
24 the output - the algebraic output - very simple
25 mathematics -- they give you values upon which we base

1 whether or not we are going to take an action or not.

2 The 35 value - Dave can speak to that a little bit
3 better than I can -- I don't believe the 35 value for
4 the soils was based on a risk assessment. It was a dose
5 assessment.

6 MS. RABE: I just said that.

7 MR. OPDYKE: It actually was a dose assessment and
8 it goes back to the NRC STMP clean-up criteria that was
9 applied nationwide. That 35 may have conveniently been
10 four times over or whatever it was - five times over
11 the standard, but it was actually a promulgated
12 standard from NRC that was used for years in the site
13 decommissioning management program. It was 30 for
14 enriched uranium. It was 35 for depleted uranium. It
15 has been applied nationwide in the earlier clean-ups -
16 most of them were in the times where the STM people
17 program started sometime in the 80's.

18 MS. RABE: All I know is that the Attorney
19 General's Office said it was a huge victory because he
20 really had to fight the Department of Energy on it.
21 That's all I know.

22 MR. OPDYKE: So, the 35 number is a little bit
23 like comparing apples to oranges when you look at risk
24 assessment results. They are similar, but not the same.
25 So, the risk characterization will look at two things;

1 carcinogenic output and non-carcinogenic output.

2 Uranium is one of those constituents that has both
3 effects. It has carcinogenic effects with radioactive
4 properties and it has noncarcinogenic effects. Those two
5 things were both evaluated based on the toxicology that
6 we know that we get directly from US EPA. We don't make
7 it up ourselves. This is not something that we do
8 in-house at the US Army Corps of Engineers. All of the
9 procedures that we use we take directly from guidance
10 that is given to us from the US EPA and fed in through
11 their processes.

12 MS. RABE: There is a range of one and 1 million -

13 MR. OPDYKE: Now, let me talk about that. That's
14 the next thing I wanted to get to.

15 So, when we think of carcinogenic output - that
16 range - the one in 1 million to one in 10,000 which is
17 what the EPA calls the acceptable risk range for
18 carcinogens, that's actually above baseline carcinogenic
19 risk. Baseline carcinogenic risk - depending upon who
20 you talk to, whether it be the American Cancer
21 Association or Centers for Disease Control - if you vary
22 anywhere from 25% to 33% - that's baseline risk.
23 Throughout a lifetime somebody's possibility of getting
24 cancer -- that is one in 421 in three.

25 MS. RABE: There is a lot of controversy over

1 that.

2 MR. OPDYKE: There is.

3 MS. RABE: Now a lot of organizations are saying
4 that there is no safe level of exposure to carcinogens.
5 Any increased exposure to carcinogens is an increase of
6 getting cancer. There is also that. That's why we have
7 a law -- as low as reasonably achievable in our
8 radiation guidance policy, right?

9 MR. OPDYKE: Correct. There is no argument here.
10 So, going from the baseline statistics through a
11 lifetime possibility -- the restraints that we are
12 talking about - one in 1 million to one in 10,000 -
13 that is an additional chance above baseline. If we
14 were to write that out, let's just take the 25% value.
15 That is .25. Before adding one to the -6 - one in 1
16 million, that is .250001. That is your one additional
17 chance in 1 million above that baseline. So, we are
18 talking about something that is very, very small. Back
19 in the 1970's the EPA came up with that one in 1
20 million number. Basically there were a few scientists
21 discussing what would be considered no risk from a
22 carcinogen.

23 MS. RABE: Did you use the one in 10,000 cancer
24 risk in your assessment? That is my question.

25 MR. OPDYKE: The risk range is one in 1 million to

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

one in 10,000 above baseline risk, which is between 25% and 33% over a lifetime. So, the US EPA risk range for carcinogens is one in 1 million to one in 10,000.

For us, and the Army Corps on our jobs the action limits for carcinogens is at one in 10,000 because through statute the EPA gives us a risk range that is acceptable. Now, I can't speak to New York's acceptable or not acceptable ranges. We have somebody here that could talk about that.

From a federal level, that is the acceptable risk range. That is what we use to inform ourselves as to whether or not we need to take an action.

MS. RABE: So, you did use the one in 10,000 risk, which is in violation of the New York State's policy -

MR. OPDYKE: I can speak to the process. So, if you have questions about the process, I can answer those questions.

MS. RABE: There is a state law that specifically says one in 1 million cancer risk because our state agencies specifically saw - in terms of looking at the state and federal Superfund clean-ups over the last 25 years -- in 2002 they said were going to create a Brownfield program on top of refinancing the state's Superfund program. We don't like using one in 10,000 cancer risk. It is not safe. That's what our agencies

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

actually said in negotiations with the bill. That's why
I am upset about the fact that your agency used one in
10,000 cancer risk because all of the environmental
health organizations - the Nurses Association, the
Doctors Associations and all of the groups that worked
on toxic contamination issues and cleanup issues in New
York State fought long and hard for that one in 1
million cancer risk.

MR. OPDYKE: I understand your concerns. I can't
answer questions based on New York's laws and regs. I
hope we have somebody here who can.

MR. MOORE: Maureen, did you want to comment on
that?

MS. SCHUCK: No. Our toxicologists are not here,
but we will definitely be addressing your comments.

MR. MOORE: Then, the best way for us to respond
to this is now that this becomes a matter of the public
record, we will prepare an official response and that
will be included in the document and then we will
research and coordinate that issue with the Department
of Health and have a response.

MS. RABE: How did you come up with the noncancer
hazard index less than one?

MR. OPDYKE: There is no risk range for
non-carcinogens. The threshold is one. I believe that

1 is true for New York.

2 MS. RABE: I think that it said in the literature
3 that the report came up with less than one.

4 MR. OPDYKE: It would have been one. Where does it
5 say less than one?

6 MS. RABE: I will have to go back and look.
7 Somewhere in 5-2 or 5-1 you talk about how you came up
8 with the risk assessment.

9 MR. MOORE: We have the lifetime cancer risk -

10 MR. OPDYKE: It says our target is one.

11 MR. MOORE: Yes, sir?

12 **Redacted - Privacy Act:** I have three questions. Are you
13 James?

14 MR. MOORE: I am James, but you can call me Jim.

15 **Redacted - Privacy Act:** Years ago we started going to
16 these meetings with Lou -

17 MR. MOORE: Yes, where they used to have it down
18 at the school. They were in the Colonie gym once. I
19 was there when the ATSDR was there.

20 **Redacted - Privacy Act:** I'd like to add Lou has since
21 passed away who owned this property. I spoke with
22 someone who told us - it was my dad - that they placed
23 a red line around the site. Before they did any
24 testing or anything, they put a red line around the
25 site until they could figure out what liabilities were,

1 etcetera. The person said that the red line was kinda
2 sent to the bankers - which precluded us from selling
3 commercial property until there was an answer to the
4 dispute.

5 Is that true, number one and number two, has that
6 red line been lifted? Do you know about the red line?

7 MR. MOORE: Do you know when your dad said the red
8 line -

9 **Redacted - Privacy Act** : I think it was in the mid 90's.

10 MR. MOORE: I can tell you, sir, that I don't know
11 about the red line. Back in the 90's would have been
12 at a time when the Department of Energy would be at
13 work here and not the Corps of Engineers. So, I'm sorry
14 to say that I cannot answer your question.

15 **Redacted - Privacy Act**: So, to the best of your knowledge,
16 this is non-existent.

17 MR. MOORE: Correct. What I would do - we can
18 reference the document that we have in the library that
19 shows all the work that has been done on all the
20 vicinity properties. That should answer the question
21 for any person or a banker related to that, or if they
22 have an environmental person -- one thing that I have
23 always suggested, sir, is to have them just contact me
24 and I can put them in contact - usually with that guy
25 over there and that guy right there (Indicating). We

1 can answer any questions about the issue.

2 **Redacted - Privacy Act:** My last question is: What is going
3 to become of this project? What are the options
4 available? Can I go over and buy it?

5 MR. MOORE: Let me put it to you this way: I'm
6 going to be hypothetical for the group to give them an
7 idea of what the options are. I envision that by
8 September of this year, we will have completed all the
9 necessary items and the record of decision will be
10 place for this last operable unit. The review has been
11 completed and all the records will be put together and
12 given to the landowner. The landowner is the
13 Department of Energy Office of Legacy Management.

14 **Redacted - Privacy Act:** They are the present landowners.

15 MR. MOORE: They are the landowner. We are the
16 executing agent. So, we say okay, the property is
17 ready for the transfer and provide the official
18 notification.

19 The way that our organizations work is they can take
20 up to two years to take possession of the site back and
21 after which my understanding is that they would be
22 working with GSA which is General Services
23 Administration.

24 **Redacted - Privacy Act:** Of New York State.

25 MR. MOORE: No, this is a federal property. Then,

1 GSA will sell the property. It could happen a little
2 bit sooner. It could take a little bit longer. A lot
3 depends on how the DOE would like to take this -

4 MS. RABE: Don't they have to decide on first
5 whether it's going to be commercial or residential or
6 industrial? Can they sell it?

7 MR. MOORE: Yes, they can sell it.

8 MS. RABE: They have to decide on the land-use
9 first, don't they? That's how DOE usually works its
10 sites.

11 MR. MOORE: I will not comment on my sister
12 agency's land practices. I would expect that it would
13 be sold to someone for probably an industrial use,
14 whether that be a parking lot, whether that be a solar
15 power field for power generation, whether that be a
16 highway maintenance yard -- but I doubt that it will be
17 for residential. I'm going to go with this gentleman
18 next. Could you just say your name please?

19 Redacted - Privacy Act : Redacted - Privacy Act. I have
20 information about what you're talking about. Usually
21 in records of decision - there is some indication
22 future use restrictions are. I have often seen either
23 deed restrictions on environmental easements that will
24 limit the property as to what could be done there.

25 MR. MOORE: Yes, there will be an environmental

1 easement on this property. There are a couple of small
2 spots around the site where you have - like it's lead
3 and copper -

4 MR. WATTERS: Arsenic and lead.

5 MR. MOORE: Arsenic and lead - which is just above
6 the residential standard, so we were required by New
7 York Statute to put in an environmental easement. If
8 you were a developer and you want to put a parking lot
9 there or you want to put a building there, none of
10 those things would have any major impact.

11 Redacted - Privacy Act : Can you explain environmental
12 easement?

13 MR. MOORE: I can, but I want to make sure that I
14 answer your question.

15 Redacted - Privacy Act : That was more clarification. I
16 had more questions. You can talk about the
17 environmental easement and then come back to me.

18 MR. MOORE: I didn't mean -

19 Redacted - Privacy Act : It's okay.

20 MR. MOORE: An environmental easement - all that
21 really says is there is a map of the property. On the
22 map of the property they surveyed in specific boxes and
23 locations about where they know there is contamination
24 that is above residential standards. If it's above
25 industrial standards, we would have taken it out, but

1 this is something that where it's being above
2 residential but below industrial standards. We have two
3 areas that are in there with relatively shallow
4 surfaces that we couldn't take out so that box will go
5 and transfer with the property, so the new landowner
6 that wants to buy the property says oh, this is an
7 environmental easement. This is the area here -

8 Redacted - Privacy Act : That I can't build.

9 MR. MOORE: No, they can.

10 Redacted - Privacy Act : Oh, they can.

11 MR. MOORE: There are many ways to manage these
12 issues. It could be a parking lot. It could be just
13 about anything that you could think of as long as
14 someone is not growing vegetables there and eating
15 those vegetables for 30 years.

16 Redacted - Privacy Act : In that soil.

17 MR. MOORE: In that soil.

18 Redacted - Privacy Act : If you have three feet of soil
19 on top of it -

20 MR. MOORE: But Redacted - Privacy Act I believe that you had a
21 question.

22 Redacted - Privacy Act : My name is Redacted - Privacy Act . My
23 reading of the report is that eight indoor dust samples
24 were taken at 12 different sites. So, there are 96
25 samples; is that right?

1 MR. MOORE: I don't know the specific number per
2 property. I would have to ask Dave.

3 MR. WATTERS: Most properties there were eight
4 samples collected. Some are more; four in the living
5 areas and four in the non-living areas - high use and
6 low use type. There were four properties. Actually,
7 the initial four we surveyed back in 2011. We couldn't
8 get access to go back and get four samples of the
9 living rooms and bedrooms.

10 MS. RABE: I can tell you one reason why. You
11 guys never cleaned it up.

12 MR. WATTERS: If you do the math, we had done 12
13 properties. Four of them had four samples and the rest
14 of them had eight samples. So, there was a bunch of
15 samples.

16 Redacted - Privacy Act : Were the dust samples analyzed for
17 enriched uranium or for total uranium or only for
18 depleted uranium? The reason that I'm asking that is
19 because as your presentation made clear and as we all
20 know that NL used enriched uranium for many years. I
21 don't know how much they used, but I imagined that some
22 of it got to the atmosphere as well.

23 MR. WATTERS: It could have and we would have seen
24 it because what we did was isotopic uranium. So, we
25 saw uranium 234, 235 and 238 - all of which were

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

components of depleted uranium and natural uranium. The results were indicative of depleted uranium in all cases. We didn't see any indication that would make me think that enriched uranium - in fact, it always looked like depleted uranium.

Redacted - Privacy Act: The site inspection levels, as I understand, were developed based on using risk assessment precedents. Starting with toxicology numbers, working through scenarios and you came up with these numbers - how did the assumptions change the risk assessment when you look at the final results?

MR. OPDYKE: The easiest way to answer that is that the screening levels for action levels described in here were the most conservative exposure assumptions - going into the derivation of those. So, we made a list of assumptions where they were action specific. That's the difference. All that is in the risk assessment itself, which I encourage you to look at I guess in the library.

MS. RABE: You're allowing 630 millicuries --

MR. OPDYKE: Keep in mind that particular level would be typical in a garage.

MR. RABE: The front and back lawns are 35 millicuries. Based on the studies, that considered the safe level that was stored at the site for almost three

1 decades. Now you're telling us to believe that it's
2 safe to have 630 to breathe in the garage. For some
3 people, a garage is their workplace.

4 MR. MOORE: Where was that sample - in the
5 rafters, right?

6 MR. WATTERS: That was in the rafters of a
7 detached garage.

8 MS. RABE: It doesn't matter. It's the same as a
9 front and back lawn, in terms a pathway to exposure.
10 You don't live on your front lawn, do you? They said
11 that 35 is the dose level that was safe.

12 MR. OPDYKE: So, you're asking me how does it
13 matter? It matters because the possible exposures
14 would be completely different. Soil is in your front
15 yard and rafters are in the garage.

16 MS. RABE: I guess I would respectfully disagree
17 that both pathways of exposure - one is more serious in
18 terms of breathing it in and inhaling the dust that is
19 up in your rafters and if you disturb it - which you
20 will eventually some time - you'll disturb it and
21 you'll breath it in - versus in the soil when your kid
22 is out there and he's less than two years old and he
23 eats soil. There are different pathways for exposure.
24 I think that it's really hard for us as a community
25 that has been impacted by the site that fought for 35

1 millicuries per gram based on dose. We think that it's⁴⁵
2 a pretty decent protective clean-up standard based on
3 what we have looked at with the sites around the
4 country. For you to say that 630 - we should believe
5 you that it's safe when it's many times more than what
6 we have soil, you have not convinced me whatsoever.

7 I think that you have used the one in 10,000 that's
8 been displayed here and not the one in a million. You
9 picked the one that would fit the formula and you set
10 the clean-up standard for dust after you did the testing
11 when by rights agencies should for public trust purposes
12 establish the standard for clean-up before you test.
13 So, in other words, you set the standard so that you
14 could say that you don't have to clean up anything. You
15 did that after you did the testing, right?

16 MR. OPDYKE: I understand your concern. We did
17 our risk assessment -

18 MS. RABE: It was ass backwards. It's not
19 protective. I'm ashamed that our Department of Health
20 and DEC for agreeing to it.

21 MR. MOORE: We will agree that the 35 is
22 protective.

23 MS. RABE: Yes, we accept that is the best that we
24 can do. We accepted it back in 1982 when it was
25 established.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. MOORE: The 35 is protective for a residential scenario.

MS. RABE: Yes, that's what we believe and accept. We know that it's a compromise, but we accept it. That's why it's especially frustrating is that you're asking us to now accept 630, 426 and all these much higher levels for a pathway of exposure which is dust which gets into people's lungs.

MR. MOORE: You will also agree that there is a different exposure between someone who is a resident and sitting on the ground with their child and consume soil and ingest it for 30 years and then would have a potential cancer risk - between that and then someone's attic rafters where we were vacuuming up dust there that no one had ever cleaned in more than 30 years. You think that the dose standard should be the same for both?

MS. RABE: I know that some of the homeowners - the first four that you tested -- I know that some of those houses, they're trying to sell. I think of the next homeowner. The next homeowner might have a fifth kid and they decide to renovate the attic and make it into a fifth bedroom. In the process of the renovation, they have a teenage son who may end up inhaling a lot of contaminated dust that may impact

1 them. If they already have asthma or they are already
2 have a sensitive metabolism, they're going to get a
3 dose that they shouldn't get. When all we can easily
4 do is clean up six of these 17 properties and eliminate
5 those pathways of potential exposure that are going to
6 be toxic. We can't say what is going to happen to these
7 house in the future. That's why we have protective
8 standards to protect future populations. When we leave
9 contaminations behind, like you said, we have deed
10 restrictions and easements.

11 I bet you're not going to have in those houses deed
12 restrictions saying that you found contaminated dust and
13 you whitewash it away with risk assessment policy and
14 federal policy that is not protective. People are not
15 going to know.

16 MR. MOORE: Let's go back to some of the basic
17 premises. That's where I think that it's important to
18 point out some of these conceptual model discussions.
19 We're talking about contamination that occurred between
20 1958 and 1984. So, we're going back and we're sampling
21 30 years after the last bit or particle of material
22 that could have been deposited in their space. So,
23 reasonably one could make the case anywhere between 30
24 to 60 years that no one has really done anything about
25 the attic or rafters of the place in question.

1 My point to this I think you make some valid points
2 but I also think that you're not looking at some of the
3 specific issues that are bigger environmental problems
4 if someone doesn't clean their place in 30 years that is
5 depleted uranium that is sitting on the eaves and the
6 rafters.

7 MS. RABE: Then, the Department of Energy should
8 not have cut a deal with NL Industries and sold the
9 property for \$10.00 and a waiver on any future
10 liability. You should get the Department of Justice
11 involved in doing cost recovery action then you
12 wouldn't have to make clean-up decisions based on cost.
13 NL would reimburse you and you would have plenty of
14 money to go back and cleanup six lousy properties. By
15 the way, that should be on your agenda. As soon as you
16 finalize this in September -- we were told during the
17 Clinton administration by the Department of Justice
18 officials that we met with -- and we will go back and
19 meet with them again in September under the Trump
20 administration - but we will still do it because they
21 said that as soon as all the remediation is complete at
22 the site, the Department of Justice by rights can go
23 back and look into a cost recovery action.

24 NL had nothing to do with the Manhattan project. It
25 was a political deal that Senator D'Amato got campaign

1 contributions from NL, added them to the FUSRAP and we
2 believe it illegally and rushed it through in two and a
3 half weeks. So, you guys should go up to the Department
4 of Justice for the cost recovery.

5 MR. MOORE: I can't comment on Senator D'Amato's
6 actions. I can't comment on the Department of Justice.
7 I also cannot turn around and talk to the Department of
8 Justice because I am not the property owner. I am the
9 property owner's executive agent in charge of cleaning
10 up the site to the best of our abilities. That, I am
11 sorry to say, is probably wholly in the purview of the
12 Department of Energy. With regards to your other
13 comments, you do make some good points that we will
14 address in formal responses back to you.

15 All I can tell you is that we have worked together
16 many years and we have always been able to figure out a
17 way for a path forward. I think we have a path forward
18 here tonight. I will leave it at that. Anybody else?

19 Redacted - Privacy Act: Can you tell me what the highest
20 contamination is that you found in the living space
21 areas?

22 MR. WATTERS: The biggest is 630. The living area
23 is the highest that we found. It was 4.2. The highest
24 residential was 4.2.

25 MS. RABE: That's because people vacuum all the

1 time. That's great.

2 MR. MOORE: It is great because frankly if they
3 didn't vacuum there's a bigger problem there. I agree.

4 MS. RABE: Just think of Soho and all of those
5 industrial areas and all those industrial places - they
6 are people's apartments. And as some of those houses
7 change over hands people are going to start building
8 basement or attic bedrooms or whoever. Whatever is
9 renovating that plus whoever is living there - they are
10 living there in a place is dust of 630 and it just gets
11 mixed into the general environment of that room and
12 it's just not a healthy thing.

13 MR. OPDYKE: There is something else to consider
14 and this is certainly beyond what I do. It might affect
15 how you and others think about this and that is that
16 there is not a lot of uranium in dust as compared to
17 soil. The total amount -- dust, by its very nature, is
18 fluffy. There is not good density to it as there is
19 with soil. So, when you're talking about a total amount
20 of uranium and dust because that's what we're talking
21 about here - that is what you're most concerned about
22 --- a beam of dust - the amount of uranium --- maybe
23 Dave is smarter than me on this, but how much stuff
24 would you say would be in a test beam about 10 feet
25 long -- 12 feet long maximum, as opposed to how much

1 soil with that holds do you think? The point that I'm
2 trying to make is that we are talking about if this
3 were the equivalent to soil there would be a very, very
4 small volume of soil which is what we're seeing now in
5 the rafters.

6 MR. WATERS: When you look at how much weight of
7 dust that you have, it is very, very small. Even when
8 there is a thick amount of dust -- because I was out
9 there vacuuming and we struggled in many cases to get a
10 sufficient mass to sample. Because the limits -- and
11 you look at millicuries or measure radioactivity, there
12 is such a density difference in such a small mass, the
13 total amount of the uranium that is available to be
14 brief is so much smaller.

15 MS. RABE: If you had to say a ballpark figure --
16 if you had to say a percentage - the percentage would
17 be in the soil versus and it dust beam, it would be?

18 MS. WATERS: It's so small. This is one of the
19 things that we wrestled with when we talked about doing
20 this study at all. The potential for exposure for
21 people is so small when you talk about the total dose -
22 the amount that you could get -- the total amount
23 possible because of the difference between soil and
24 dust is that soil, you kind of assume, is an
25 inexhaustible supply. It's always there to be consumed.

1 Dust is not that way at all.

2 Let's say you are intensely snuffing that dust, to
3 put it in a nonscientific way. It is not going to take
4 long before all that dust is gone. Does that make sense?

5 MS. RABE: I hear what you're saying.

6 MS. WATERS: So, in terms of the actual overall
7 risk through time in terms of what we extrapolated risk
8 wise -- and what we didn't do - a really conservative
9 measure - we didn't put into the model that the source
10 would be used up over time. In reality, the source
11 would be used up over time and it wouldn't take long
12 for all of that contaminated dust to be gone. We joked
13 about this a little bit, but it is true. Most of what
14 we did in sampling got rid of the problem entirely. If
15 you were to go back to those areas you wouldn't find
16 any at all. It was completely vacuumed out by what we
17 did. You really have to keep that in mind. I'm sorry I
18 didn't think about this earlier and I was just sitting
19 there and I thought about this because now, how much
20 time is gone by. We've been doing this on and off
21 since 2009. It's not necessarily executing the work but
22 in terms of thinking about it -- think about it. Then,
23 of course, we have to put a contract in place and we
24 have to get somebody to actually do the work.

25 In this case, we did the work. It's a little

1 different. It still takes time. So, another couple years
2 have gone by since we have actually done the risk
3 assessment and done the work itself, gotten to the point
4 where we have a feasibility study. Then, we have a
5 proposed plan. Now at the stage where we have a proposed
6 plan in all of this time has gone by because we have to
7 follow our process which is the CERCLA process and it
8 takes time.

9 MS. RABE: As I remember, we had trouble finding
10 an adequate amount of dust in the attic. We were
11 concerned about taking too much of the lower basement
12 windows because we were hoping you guys would come
13 back. We used wipes. We didn't use a vacuum.

14 MR. WATTERS: We use a special designed vacuum.

15 MS. RABE: You vacuumed up a good part of the
16 attic?

17 MR. WATTERS: Yes. There were couple that I
18 remember were pretty dirty. I wouldn't be surprised if
19 they were even accessed much if even at all over
20 decades.

21 To go back to what Cliff was saying before, I think
22 it is putting it in perspective. Let's say you took one
23 of these properties - a dirty one, and you vacuumed up
24 all the dust -- every little bit of dust that's in
25 there. You're going to have a few pounds of dust.

1 MR. MOORE: Less than 5 pounds - probably the size
2 of the sack of flour.

3 MR. WATTERS: You look at the soil cleanup
4 standard and its 35 millicuries per gram and were
5 talking about per a gram of soil. A piece of soil this
6 big - the cubic foot - is one hundred pounds.

7 MS. RABE: One hundred pounds, you say?

8 MR. WATTERS: One cubic foot is 100 pounds. When
9 we looked at the risk-based numbers we did in fact do
10 renovation of the attic spaces. So, we did look at. I
11 was a much smaller risk component than the routine use
12 because it happens like once. Whereas, the other ones
13 have the whole lifetime. So, we did specifically
14 address.

15 MR. MOORE: Just to close your point, Dave's true
16 point in the end is when you look at the volume of
17 material now, there is not a lot of volume. They are
18 probably well below your number when you look at the
19 mass of material in these are the types of things we
20 had long conversations with these two people back and
21 forth for hours about these issues -- working through
22 each technical nuance.

23 So, we have thought long and hard about the community
24 and everyone involved to try to the best thing that was
25 right and appropriate.

1 MS. WATERS: I just want to reiterate that we
2 almost didn't do this at all simply because of the
3 argument that there is so little stuff there to cause a
4 problem. I just want to emphasize that.

5 MS. SCHUCK: I'm Maureen Schuck; S-C-H-U-C-K. I am
6 with the New York State Department of Health.

7 Anne, a lot of your points were arguments that the
8 department of health did make. We did a lot of the
9 sampling and the whole process. We were not necessarily
10 in agreement on a lot of the details, the risk analysis.
11 I think the bottom line is that when we looked at the
12 data - you didn't show the background sample but the
13 background result -- we were not using the risk
14 assessment. We were looking at the data for what it is.
15 I think we're looking at the high use area and the fact
16 that those numbers were very low. We had concerns with
17 those levels in the 69 and 150 and 270 and 630 and
18 certainly made recommendations for that to be removed.
19 Those were the risk numbers to justify the Corps
20 removing that. I think in concession we made
21 recommendations to the Corps to make recommendations to
22 the property -- we didn't just want to leave that - like
23 you said, should they renovate or should they move -
24 they be given clear instructions of what to do to safely
25 remove that if they are going to renovate prior to the

1 renovation.

2 MS. RABE: Do you know if that's going to happen?

3 MR. MOORE: We put in the letters that we sent to
4 each individual party guidance on what to do and to
5 also call us to say okay, this was what was found. If
6 you have questions about how to deal with this, just
7 call us.

8 **Redacted - Privacy Act**: To follow up, you sampled 13 of
9 the 56. I know that your sampling was random sampling
10 and somewhat focused on -

11 MR. MOORE: Focused on the highest probability of
12 finding that material.

13 **Redacted - Privacy Act**: So, of the 56 original
14 properties how many of them were in the pool for
15 selective statistics sampling?

16 MR. MOORE: The way that we did it is we set up
17 concentric rings around the site - not the red line
18 that Mike was talking about. We said okay, these
19 properties within the close proximity of the site --
20 those with a high priority ones. That is where the
21 deposition of dust would be directed. Then, those
22 secondary ring outside of that going further -

23 MR. WATTERS: Actually, the first ring was the
24 properties that we initially looked at. It's obvious
25 why you would pick those when they were looking to try

1 to find material? We included all of those and that
2 was the next two groups with the concentric circles -

3 **Redacted - Privacy Act** : You basically followed the
4 path -

5 MR. WATTERS: That's correct.

6 **Redacted - Privacy Act** : Just one more follow-up
7 question.

8 You said that you had sent out letters to the
9 residents where you had done testing suggesting
10 potential methods or methods to use for future
11 renovation. Are similar letters envisioned for all the
12 residents of potentially affected 56 properties?

13 MR. MOORE: No. The reason I say that is because
14 of the way that we did our work, the properties that
15 are the most likely impacted were all the ones that we
16 already have looked at. We don't envision, based on
17 the review of the soil results - because the soil
18 results and the dust results compare very well. If you
19 had a location that had high soil results, then you
20 should have a location with high dust results.

21 So, when you went and did that analysis and came back
22 with the same conclusion which is what Cliff was talking
23 about all along, there is not that level of stuff out
24 there.

25 **Redacted - Privacy Act** : I'm a little confused by your

1 representation that you had 13 representative
2 properties and you did a representative sample and
3 there are some properties that are in the same area
4 that you may not be sampling that could have similar
5 results.

6 MS. RABE: Just so you know we leafleted all the
7 immediate streets and let each property-owner know that
8 there would be a dust testing. Some people refused.

9 MR. MOORE: Many people refused. This guy was
10 the one that did all that work.

11 MR. WATTERS: We did this random process where we
12 had the first four properties since we knew that they
13 had the highest potential and we had already sampled
14 and knew that there was elevated uranium. We
15 anticipated that people were going not let us on the
16 property. So, for each of those zones we ranked them
17 all. We basically used a random number generator in
18 Excel and put them in order and then we would start
19 with the first five because in each of those two groups
20 we had scheduled to do five properties. So, we would
21 go in and we would try to hit those properties in the
22 order that they are listed, but sometimes we went to
23 the bottom of the list and we didn't even get as many
24 properties as we initially wanted to. I think that we
25 ultimately contacted everyone that was on the list.

1 MR. MOORE: There were dozens.

2 MR. WATTERS: We sampled - and I believe and could
3 be wrong here but I do believe that we sampled everyone
4 that let us in. We exhausted our resources for the
5 residential properties. Commercial properties - we
6 only targeted two and we ended up doing three.
7 Somebody said hey, you can come on and do it so we did.

8 MS. RABE: So, what would you recommend if someone
9 calls you?

10 MR. OPDYKE: A standard vacuum with a HEPA filter
11 and a dust mask.

12 MR. WATTERS: A good HEPA filter vacuum. The way
13 you can decide that it's good is if they say it's an
14 allergy protective one. I don't know the exact term
15 but there is some kind of certification that the
16 national allergy - whoever they are. They'll say that
17 this vacuum has been certified to be protective -

18 MR. OPDYKE: Dust down to like 4.5 microns - that
19 type of thing because it has a type of filter.

20 Redacted - Privacy Act ----- : It's kind of like Asbestos
21 abatement.

22 MR. OPDYKE: Yes, but even some of the
23 commercially available ones I think would be fine for
24 this purpose. You can buy those at Home Depot.
25 They're available everywhere. What happens is those

1 vacuums will suck it up and they won't blow it out the
2 back because they have a filter on it that is a
3 catch-all.

4 MS. RABE: Is that how you do it for lead?

5 MR. WATTERS: Yes, it's the same. There is one
6 point that we did want to make. When we talked about
7 how we followed the lead sampling guidance for EPA, one
8 thing that we didn't follow was they don't recommend
9 looking into non-living areas. It actually
10 specifically states in that guidance that you really
11 don't go into an attic. To be thorough, we did. It's
12 for a lot of the reasons that we talked about tonight.
13 It's just the total amount of the material.

14 I did want to mention the 35 millicuries per gram
15 limit - to put it in perspective, this whole mass
16 quantity of material that you have - the reason that the
17 35 came out is a big part of it was to be protective of
18 the ground water. When you have so many grams of soil
19 each that have 35 millicuries, you have a whole bunch of
20 millicuries that uranium will ultimately mobilize in
21 certain circumstances and will get to the groundwater
22 and cause a groundwater problem. If you were to say
23 that I will never use the groundwater, that 35 is more
24 like a 100 or more. It depends on who you talk to.

25 MS. RABE: That's exactly what we wanted to do.

1 They wanted to do 96.

2 MS. WATERS: At the end of the day that would
3 probably be almost as protective because when you end
4 up cleaning up soil like that, you tend to get it all -

5 MS. RABE: I understand, but still - you say back
6 in the 80's was based on groundwater.

7 MS. WATERS: The inhalation of uranium and soil
8 doesn't become as much of an issue. Uranium is bad to
9 inhale, but when it's in soil with those
10 concentrations, you can have that 96 picocuries per
11 gram and it's not going to be as much of an issue but
12 it does become a problem when it gets to groundwater.
13 You have so many inventories because you have so many
14 tons of soil that ultimately, it all goes into one
15 spot. Ultimately all that material somehow gets to the
16 groundwater and now you're drinking that. That's what
17 brings those numbers really down. I have seen NRC
18 clean-ups where there were hundreds and hundreds of
19 picocuries per gram. So, 35 is very protective.

20 I have a Master's degree in health physics and
21 I do believe that these levels are protective. I do
22 believe that anyone that lives near an industrial area
23 and has stuff that is settled in their house should be
24 using the appropriate methods to clean it. That's a
25 standing recommendation if you've been around - or if

1 you are in a place that has industrial emissions, when
2 you clean up material like that which has settled over
3 the years you really want to do it with a vacuum that
4 does have a HEPA vac. EPA has in fact, over the years -
5 they would go up in some houses and you could see how
6 the emissions changed over the years. If they had real
7 undisturbed dust, they would figure out a way to ---
8 because the best tell of what was in the air were these
9 places in the eaves and stuff where it's designed to
10 communicate, but it's protected enough so that it's not
11 getting blown away, so you can get a good layer of dust
12 that over the years -- this is like dioxins. Remember
13 we found one study when we looked all over the world and
14 it took us a long time. There was a study in Germany.

15 MS. RABE: We did tree bark testing - when we were
16 doing that back in 2009. We found three trees that
17 were over 50 years old. One was on Central Avenue
18 right next to NL and there was a SUNY Albany scientist
19 who specialized in testing bark and plants. Jon [SIC]
20 Arnis and Randy Parish who were the British scientist -
21 they ran out of money, so it's still in a lab in
22 England. We tested three trees and they wanted to look
23 at the exposure and the sedimentation levels.

24 MR. WATTERS: We can see uranium really good.
25 That's why they can see it so far out. Even the trace

1 amounts, you can tell -- NL emissions were almost
2 always depleted uranium. I never have seen an
3 indication otherwise, even though they did process
4 enriched uranium. Enriched uranium is very expensive.
5 You wouldn't want to throw that out the stack. The
6 depleted uranium wasn't because it's like a by-product.
7 The analytical techniques - what happens is that U-238
8 and U-234 -- the U-238 is normally the same as the
9 U-234 but it's higher in depleted uranium.

10 MS. RABE: You know the urine test that the
11 Department of Health did, right?

12 MR. MOORE: Yes.

13 MS. RABE: So, could send me a calculation - if
14 it's five pounds of dust in an attic or basement versus
15 100 pounds of soil?

16 MR. WATTERS: Absolutely.

17 MS. RABE: In terms of the levels and how they
18 relate to the 35.

19 MR. OPDYKE: We can definitely do that.

20 MS. RABE: Thank you.

21 MR. MOORE: The simplest way to do that -- we can
22 do this one of two ways. We can have an agreement that
23 we'll take care of that on the side. If you make that
24 a formal comment, we would have to provide a record of
25 that information to you. Either way, I'm committing to

1 you that my team will work on this issue and answer
2 that question for you.

3 So, I think that we can let the Stenographer rest
4 her hands and we can conclude our meeting for tonight.

5 Thank everyone for participating and coming out. It
6 was a pleasure meeting all of you and all of this
7 information will be included within the transcripts.
8 Also, if you have any official comments that you'd like
9 to send us, please do so. The closing date on the
10 proposed plans is the 13th. Again, thank you so much
11 and have a good evening.

12
13 (Whereas the above entitled proceeding was concluded at
14 8:50 p.m.)

CERTIFICATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, NANCY L. STRANG, Shorthand Reporter and Notary
Public in and for the State of New York, hereby CERTIFY
that the record taken by me at the time and place noted
in the heading hereof is a true and accurate transcript
of same, to the best of my ability and belief.



NANCY L. STRANG

Dated 3-3-17